

INTERVIEW OF MIKE ONNEN

October 4, 2013

1 MR. STARR: Well, let's get going, Mike. This is
2 an interview with Mike Onnen, manager of the Little Blue
3 Natural Resources District. The interview is being
4 conducted for the Natural Resources District's oral history
5 interview project. The interviewer is Gayle Starr. The
6 interview is being conducted on October 4, 2013, at Mr.
7 Onnen's office in Davenport, Nebraska.

8 So, with that, Mike, I'd like to have you just,
9 first of all, give us a little resumé of what you've done
10 with your life and how you ended up here and so forth.

11 MR. ONNEN: Okay. Well, I graduated from the
12 University in 1975 with a degree in Wildlife Management
13 Natural Resources with a wildlife option. I worked for two
14 years in Lincoln. I'd been kind of interviewing for jobs in
15 the NRD field. I interviewed, as a matter of fact, by
16 candlelight with the previous manager of the Upper Big Blue
17 NRD -- I can't think of his name right off-hand.

18 MR. STARR: Floyd Marsh (phonetic).

19 MR. ONNEN: Yeah, Floyd Marsh, and interviewed by
20 candlelight because they'd had a blizzard and the lights
21 went out, and he said, "Well, just come out and we'll
22 interview anyway," but I didn't get that job. I also tried,
23 I think, a position in South Platte NRD. But I worked in
24 Lincoln for two years at a tree service in the meantime and,
25 in 1977, we were doing timber improvement in Table Rock,

1 Nebraska during the winter and got a call to come in for an
2 interview with Little Blue. So that led me here and I was
3 hired in March. I started March 7th of 1997 -- '77, excuse
4 me, here with the Little Blue NRD and my title was
5 operations supervisor at the time. I worked with Dave
6 Mazour (phonetic), the manager, and Ted Sobata (phonetic)
7 was the assistant, and Nelda Sander (phonetic) was our
8 secretary, and that was all we had here for staff at the
9 time. And my duties primarily were the tree planting,
10 wildlife programs, conservation cost share, which they just
11 started the soil and water conservation program in the Game
12 and Parks wildlife habitat improvement programs. Those were
13 a couple of my main duties.

14 MR. STARR: Sounds like you were obviously
15 directed to NRDs but what wetted your interest in working
16 for an NRD?

17 MR. ONNEN: Well, you know, I guess, I grew up on
18 a farm near Gilead, in between Hebron and Fairbury. My dad
19 was a conservation farmer from the word go. I remember him
20 getting the conservation award back in 1965 for a farm photo
21 award back then and remember the photo hanging on the wall
22 at home. It just always impressed me because it was an area
23 of some rolling terrain that had a lot of water-ways and
24 terraces and small ponds on it, and tree plantings as wind
25 breaks and everything, just really impressed me. Plus, I

1 had a 4-H project when I was a kid that I got involved in
2 wildlife management and things like that, and I got a real
3 interest in just conservation in general through our 4-H
4 program and through what Dad had taught me. I guess I
5 always thought I probably would work for Game and Parks
6 Commission, that's why I went through the University with a
7 wildlife option, but seemed like a lot of my class members
8 had their foot in the door with some of the jobs that were
9 available for summer work there and I ended up coming back
10 to Hebron to work in the Soil Conservation Office there as a
11 watershed inspector building flood control dams down in the
12 Hubbell, Nebraska area, and that kind of got me started, I
13 guess, with the soil conservation and the conservation end
14 of it here.

15 MR. STARR: So when you got here, was it about
16 what you expected or was it entirely different than what you
17 were --

18 MR. ONNEN: Well, it was pretty much what I
19 expected but the Little Blue had some really interesting
20 things going on in the late '70s. That was at the time that
21 the Cather (phonetic) land project was on the table and Dave
22 Mazour was intricately involved in trying to get a water
23 right to construct the Cather land project. And about that
24 same time they had just -- the State had modeled the
25 groundwater in this part of the State, the Big Blue and

1 Little Blue Basin. They did a model for us and made some
2 projections that our area was going to be -- a lot of those
3 areas would be dryland by 2050 based on the trend lines that
4 were occurring in water tables. So in the late '70s, the
5 Little Blue NRD went to work and had developed some rules
6 for regulating groundwater through our groundwater control
7 area. They established a control area in 1979 with a plan
8 to be in groundwater allocation by 1982, a pretty aggressive
9 plan. So when I got here, those were the things that were
10 taking up the time at the board meetings. And I remember
11 sitting in the room right next to us here, and board
12 meetings would last til 12:30, one o'clock in the morning
13 quite often. And at those times, we didn't have any
14 regulations about smoking at the board meetings and we had a
15 lot of smokers on the board and there was oftentimes that
16 the smoke was so heavy in there with those guys puffing
17 them, their cigarettes, you couldn't hardly see from one end
18 of the room to the other. But they had a lot of business
19 they were conducting back then and those were some of the
20 things -- the early things I remember from our board
21 meetings.

22 MR. STARR: So what were the arguments for and
23 against the -- moving ahead with some groundwater controls
24 or regulations for controls?

25 MR. ONNEN: Well, I think, at that time, most of

1 the concern was, it was moving so fast. And, of course,
2 people, they always question the models, "How can that be
3 that we could be dry?" It just seemed like there was so
4 much water here. So when we started metering wells, there
5 was opposition to metering. I think a lot of the same
6 arguments we hear today, they're always afraid that the
7 State will tax them. If it's something that can be taxed,
8 it would be taxed, and they felt like they were already
9 being taxed on their irrigated ground, but those were some
10 of the arguments we heard. Otherwise, I think it was just
11 that people felt like even though the state law said that
12 the water was the public's, I think a lot of people felt
13 like, "I bought the land, it's my land -- my water
14 underneath the land," and so they really didn't think the
15 NRD should be regulating on that basis. Those were probably
16 two of the most common arguments we heard.

17 Of course, we got into the time, 1982, when we
18 intended to go to allocation and we just -- we were having
19 trouble getting everything metered in time and in 1980, '81,
20 and '82 we had some wetter years and it kind of looked like
21 maybe things were not -- the trend line changed a little bit
22 so they backed off and said, "Well, let's wait until 1985."
23 And, at that time, when that came, the trend line looked
24 better yet and so people suggested, "Well, the models were
25 wrong. There's no reason we should be regulated and let's

1 back away from this."

2 MR. STARR: So did this NRD require meters at that
3 time or was is just a voluntary --

4 MR. ONNEN: We did. We never did get all of the
5 meters fully in place. I think we had about 4500 wells at
6 the time and probably got close to 3500 of them metered so
7 we were getting close. Today we still have close to 16-,
8 1700 of those meters still in the field and those people are
9 still reporting in the voluntary program, so we've got about
10 110,000, 112,000 acres annually that are still reporting
11 their water consumption to us. And we're starting to meter
12 again. We're requiring meters on some of the newer wells
13 that are put in and offering cost share so we're
14 getting -- we probably have close to 2500, maybe 3000 wells
15 out there that are metered again. I'm sure there's still
16 meters in the (indiscernible) sheds and the quonsets them
17 guys took off after the mid-80s and said, "Well, we'll wait
18 until we need them."

19 MR. STARR: Your district is certainly not the
20 most heavily irrigated NRD in the state but, still, you're
21 in the heart of a lot of irrigation.

22 MR. ONNEN: Yes.

23 MR. STARR: How have the attitudes about these
24 issues changed over the years that you've been here since
25 '77 until today, which is over 30 years? Has the attitude

1 changed a lot?

2 MR. ONNEN: I think amongst many of the people, it
3 has. Early on there were still people that thought
4 regulation was a good thing, don't get me wrong. There were
5 people out there. They tended to be those that were a
6 little bit more meek about their opinions, they were not
7 willing to share them, where the people that were opposed
8 tend to be the folks that are vocal and come out to fight
9 the issues. And I think that's still prevalent today. We
10 talked at our last board meeting about the need again to
11 require flow meters and we had several folks here that said,
12 "We fought this 30 years ago and we're going to fight it
13 again because we don't think the issues have changed." But
14 I think the recognition with most of the people is that the
15 state has changed. The value of water has changed. The
16 need to conserve, especially in this day and age with
17 technology, what it is. Most people say that, you know,
18 even with an allocation, we think there's a way we can
19 manage and should be able to manage. It's not like running
20 water down the furrows that they did 30 years ago. So I
21 don't think the fears are as great out there, but there's
22 still that segment of the population that don't want it to
23 be regulated. I think they still fear the tax on the meter.

24 MR. STARR: Sure. So when did you become the
25 manager? When Dave Mazour left?

1 MR. ONNEN: Yeah, Dave left in March -- I think
2 March 1st of 1985 and I was hired as manager just prior to
3 that, so March of '85 is when I became manager.

4 MR. STARR: So what changed for you then?

5 MR. ONNEN: One of the first things was the Cather
6 land project because there were a lot of issues there.
7 There was a lot of difficulty. We had gotten the Osterman
8 (phonetic) case overturned, of course, and we still had that
9 battle with the environmental world about a water right for
10 the project. And as I remember, one of the first couple
11 meetings that I was manager, our board had changed
12 significantly, too. I should mention that. We had a group
13 of people that were opposed to the irrigation regulations
14 that had formed a group, Little Blue Observers was their
15 name. They still exist. They had raised money from
16 voluntary donations to fight our regulations in the district
17 and to use those monies to get their people elected to the
18 board of directors so they had a say in this. And it was in
19 1985 that they probably got control of the board, so not
20 only were they fighting the irrigation issues, but they also
21 were pretty frugal with tax money and didn't want to pursue
22 the Cather land project. So those first couple months, that
23 was one of the issues. They backed away from that. They
24 said they felt that they should just turn that back over to
25 the Cather land reclamation district and let them fight

1 their own battle rather than the NRD doing it for them, so
2 that transition was made, the transfer was made, but I think
3 the State ultimately said, "We didn't have the authority to
4 transfer the permit and pull back on projects," so it didn't
5 go any place. Those were -- that was probably one of the
6 first issues that I faced that was really difficult because
7 I knew there was opportunities there, but you could see with
8 the board it was not going to go anywhere.

9 MR. STARR: I think you already answered,
10 obviously, my first question. My next question was going to
11 be what was the biggest challenge when you became manager --

12 MR. ONNEN: That was it.

13 MR. STARR: -- but that was it.

14 MR. ONNEN: We had just started the big Sandy
15 Creek watershed project, too. That started in the early
16 '80s. Dave Mazour led the efforts to get two of the largest
17 dams in our district constructed, one on the (Indiscernible)
18 Research Center and one over here by Bruning. They were
19 done in 1982 for the (indiscernible) project in '84 for the
20 Bruning dam. And then we kind of ran into this buzz saw
21 about spending money again and so they -- the board shut off
22 the additional projects at that time. We did a little bit
23 of research on a site here by Edgar, which would have
24 encompassed part of a gravel pit, putting water in there.
25 And we had done some groundwater and surfacewater sampling

1 both to determine if there'd be any impacts. Surfacewater
2 sampling showed there could be some atrazine and alachlor
3 problems and so the board kind of shied away from that
4 because we would have been putting water directly into the
5 aquifer, into that gravel pit, so --

6 MR. STARR: Sure.

7 MR. ONNEN: -- that kind of -- that was one of the
8 other major projects we had going that kind of fell by the
9 wayside at that time.

10 MR. STARR: How has the board, as currently
11 constituted, has there been a progression of their attitude
12 in the adaption of technology over the years? Has that
13 change occurred or not?

14 MR. ONNEN: To some degree. We've had some board
15 members that have come on board, some actually that
16 wanted -- that were opposed to groundwater regulations, for
17 one. They got on the board and actually, I think, became
18 pretty well educated on things, learned a little bit about
19 the technology and were pretty good proponents for changing
20 technology and improving irrigation practices. Of course,
21 we didn't change attitudes of everybody that got on the
22 board, but I think, overall, the board has become fairly
23 progressive about looking at the technology and the
24 technology that's available and trying to support those.

25 MR. STARR: You mentioned the Little Blue

1 Observers and their effort to get people on the board to
2 control what happens. Did some of those people that came on
3 the board with those type of positions as they served on the
4 board, did their view change any or were they pretty
5 stalwart opponents?

6 MR. ONNEN: Some changed and some probably did
7 not. I know we had a few of them that were on for a short
8 time and I think they learned that the district wasn't this
9 big monster out there. We had some responsibilities
10 (indiscernible) we really needed to meet. Some of those
11 folks didn't stay on the board very long after they
12 discovered that because they knew there was some battles
13 there yet. We still have a couple members on the board that
14 I think still fit that mold is the Little Blue Observers
15 (indiscernible) as watchdogs, so to speak.

16 MR. STARR: That change of attitudes on the part
17 of the directors that come on the board, statewide that's
18 been a very common thing. When they get on the board, they
19 say, "Ah ha, there's a lot here I didn't know and now that I
20 know, I look at things a little differently."

21 MR. ONNEN: I think that's the way with all of us
22 though. It's easy to oppose things on the surface until you
23 get in a little bit deeper.

24 MR. STARR: Sure. So you've had a lot of contests
25 for board positions, people running against each other and

1 so forth?

2 MR. ONNEN: We did in those early years. Here,
3 more recently, it's been almost difficult to find people to
4 fill some of the slots. Just about every election now we've
5 had almost one -- and a couple years we had two different
6 slots to fill because we didn't have any filings for those
7 positions. And there have been very few candidacies where
8 we've had more than one name on the ballot the last few
9 years. So I don't know if that's good or bad. I'd like to
10 think that we have more people interested in that but I know
11 people are busy and looking for another job isn't always one
12 of their objectives.

13 MR. STARR: And there's getting to be a lot fewer
14 farmers out there.

15 MR. ONNEN: Yeah.

16 MR. STARR: And generally we're talking about
17 farmers on many of these boards. Well, you do have Hastings
18 that provides some board members.

19 MR. ONNEN: Yeah.

20 MR. STARR: How did the process over the years of
21 having to change your election districts to fit the criteria
22 and the state law eventually to one-to-one and so forth?
23 Was that a big thing for your board?

24 MR. ONNEN: See, state law only requires no more
25 than three-to-one at this point. Initially, I guess, the

1 first process wasn't really too bad. We came out with a
2 pretty good map and I think we ended up just slightly under
3 three-to-one, it was like 2.92-to-one. Right now I think
4 we're around 2.56-to-one. Right after the 2000 election we
5 were around 2.16-to-one. So there's still a concern out
6 here that if we went one-to-one, Hastings, with two-fifths
7 of the population, you would have two-fifths of the
8 directors --

9 MR. STARR: Sure.

10 MR. ONNEN: -- and I think that's -- maybe that's
11 a good thing or maybe not. We've had some really good
12 directors from the City of Hastings that have come with a
13 pretty open mind. More of them have an ag background, too,
14 or have just retired from the farm so it's not like they
15 have just strictly an urban mentality. I think our
16 distribution of the board has been pretty good. I always
17 like to see a few more females on the board. We've had
18 probably half-dozen over the years but they tend to stay on
19 the board very long.

20 MR. STARR: Yeah. That's been a -- I don't know
21 if you'd call it a problem, but that's been the situation
22 statewide, it's not nothing unique to your district. But
23 one of the things that has happened in some of the districts
24 with much bigger urban populations like Lincoln and Omaha,
25 is that the urban people have been stronger supporters of

1 things like cost sharing on conservation practices and
2 things of that nature than some of the rural folks, which
3 has been kind of -- you wouldn't think it would happen, but
4 it did. It has happened.

5 MR. ONNEN: I think they take their position
6 seriously and they understand the 12 responsibilities of the
7 NRDs and they see their objective as a director of trying to
8 fulfill those obligations.

9 MR. STARR: There's been, at least in some
10 districts and maybe in yours, too, that they saw the
11 responsibilities as the more narrower focus that SWCDs had,
12 not the 12 you're talking about, all of the recreation,
13 wildlife, water quality, et cetera, that SWCDs didn't worry
14 about because it wasn't their job.

15 MR. ONNEN: Yeah. One other project I should
16 mention, maybe, that was one of the early projects we were
17 involved in that I think even today is just an outstanding
18 project for our district because we talk about most of the
19 district having pretty decent groundwater, but there's that
20 part down in the southeast that does not, and our first
21 rural water system was developed and kicked off in 1976. We
22 expanded that in '78 and again in '79 with a small addition.
23 And I took over the water projects in probably 1980, that's
24 when I was moved from the operations supervisor to assistant
25 manager around 1980 and took over that project. But since

1 that time, we've added another rural water project that
2 actually extends down into Kansas. We've got about 70
3 customers down there so we're serving close to 400 rural
4 connections now. It's just been a boom for that area
5 because I know a lot of folks -- well, my folks were on that
6 project. I grew up in an area that didn't have water. We
7 could see some center pivots out our kitchen window a couple
8 miles away, but we were on the edge of that aquifer and we
9 couldn't take a shower and water the cattle at the same
10 time. So it's been a really good project, a very positive
11 thing for our district constituents in that area.

12 MR. STARR: So did both of your projects get water
13 from Fairbury or do they --

14 MR. ONNEN: Yes, we buy all of the water from the
15 City of Fairbury.

16 MR. STARR: And that's working well for you?

17 MR. ONNEN: For the most part. We are, right now,
18 not taking any more sign-ups on the project because Fairbury
19 is kind of bumping their capacity. Last year was a big
20 test. 2012 was the first time that we couldn't actually
21 fill our water towers because we couldn't get enough water
22 fast enough to serve people. We had to impose some water
23 sanctions or conservation measures and that helped, but it
24 kind of scared the City a little bit because of their
25 capacity. We're using about -- they've got 1200

1 gallon-a-minute capacity and we're using about 200
2 gallon-a-minute right now. We had gone to them last winter
3 and asked if there was a chance of bumping that to 300
4 gallon-a-minute and they said, "No, we can't do that"
5 because of their peak demand. So we're kind of hoping maybe
6 they'll expand their well system, either that or we may end
7 up having to look for well sites on our own.

8 MR. STARR: Some of the rural water projects have
9 had a little bit of a problem with there being fewer
10 farmsteads out there and people dropping off because of
11 discontinued operations.

12 MR. ONNEN: We're seeing some of that, too. Ours
13 has -- I don't remember -- I can't give you numbers of how
14 many we've lost, but I think we've had about as many
15 additions as we've had losses, primarily in that area south
16 of Fairbury where it's just a really attractive area to
17 live, out in the hills, but they don't have any water down
18 there at all.

19 MR. STARR: Well, generally, south of the Little
20 Blue River there's not a lot of groundwater, generally.

21 MR. ONNEN: Generally, the area around Ruskin,
22 Deschler, and back toward Hebron, they've got a triangle
23 down there that's got some pretty good water yet, and then
24 we've got that area from Chester to Fairbury (indiscernible)
25 aquifer that is irrigated.

1 MR. STARR: So you mentioned when you first
2 started there were four employees. How has your staff
3 expanded and why?

4 MR. ONNEN: Well, about the time we were looking
5 at going into groundwater allocations and Dave Mazour was
6 still here, he recognized we were going to need people on
7 staff to manage that, so we hired an additional two
8 technicians on board then, and I think the staff grew -- we
9 probably had -- I'd have to think about the number, two,
10 four, six -- there were probably nine employees at that time
11 here in this office and we reduced that back to eight after
12 the groundwater controls didn't actually take place, and
13 we're back up to nine now with at least a temporary fellow.
14 We may have -- he may -- he's employed on a grant so his
15 grant runs out here in a year so -- but we're still talking
16 now about metering again and so we probably will have to
17 have that person if we go to the metering. So it's been
18 fairly consistent. It grew quickly in the early '80s with
19 groundwater control thoughts and the Big Sandy project
20 underway and things like that.

21 MR. STARR: Where do you stand on your budget in
22 terms of your mill levy? Are you up toward the limit or are
23 you down?

24 MR. ONNEN: No, we're not. We've actually been
25 fairly consistent between two and three cents. I think this

1 year we're around 2.9. We've been hanging right around the
2 2.9 -- and we went just a little over three here a couple
3 years ago when Little Sandy was being constructed, but we've
4 been hanging right around that middle section. Right now
5 we've got a little over a \$3,000,000 budget.

6 MR. STARR: So do you have any areas that you're
7 considering, any types of allocations, moratoriums, or any
8 of those types of vehicles?

9 MR. ONNEN: We have actually got a moratorium for
10 wells and acres on that little paleovalley from Chester to
11 Fairbury. It's an area that showed -- well, with all the
12 groundwater monitoring we've done over the years, we've got
13 normally about 300 to 320 wells we monitor spring and fall,
14 and we've also got a system now, a dedicated monitoring
15 network, of about 48 wells. But we were seeing some pretty
16 consistent declines in that area and recognizing it was a
17 small aquifer, we put that moratorium on in 2005. The rest
18 of the district -- as I mentioned earlier, we had the
19 control area. In 1992, we had hit a level that we were
20 ready to go back into allocations and, again, the folks came
21 out of the wood to fight the groundwater allocations and
22 found a glitch in our monitoring network based on the rules
23 we had in place at the time that (indiscernible) monitoring
24 is invalid so we had to back up on that and ended up having
25 a public hearing. Mike Jess (phonetic) said, "Well, it's

1 obvious that you guys aren't interested in using these rules
2 anyway so you can just do away with your controller," and so
3 the board did. And they had to start over, then, with our
4 groundwater management plan in the mid-90s and develop a
5 plan with some triggers, which, in my opinion, are far too
6 lenient this time, especially -- you know, it's been almost
7 18 years since then. We really need to take another look at
8 our triggers.

9 MR. STARR: What type of triggers do you have in
10 place?

11 MR. ONNEN: Well, they're based on -- our
12 groundwater plan initially was broken into -- the district
13 was broken into sub areas, somewhat unhydrologic conditions,
14 but somewhat trying to keep those areas similar in size so
15 they weren't too big to manage. There wasn't a lot of
16 science behind that bunch of sub areas. But, for example,
17 the board decided, at that time, that they felt 10 percent
18 of the aquifer was an acceptable decline and after that they
19 would be willing to allocate. Well, if you look at Adams
20 County, they still -- they had 150-foot average of aquifer,
21 which meant that they could drop 15 feet before you'd be in
22 an allocation program. Fillmore County was not quite that
23 deep, probably 130 feet, so you're looking at an area that
24 could have 13 foot of decline. And we know the maps we've
25 seen for the last 35 years have shown the Big Blue and the

1 Little Blue being in one of those areas where we've had
2 declines that have gone from 20 to almost 30 feet in a few
3 isolated places. So looking at these kind of declines on
4 top of those just, in my mind, seemed to be just really too
5 much.

6 MR. STARR: What did 2012 do? Was there a big
7 blip there or was it not much?

8 MR. ONNEN: We had probably -- our groundwater
9 level, if you look district-wide, reached the same point
10 that it was in 1992. We're not below that, I mean, we're
11 essentially the same. But a lot of the wells that we
12 monitored had taken -- they were lower than their 92 levels.
13 The average looked about the same, but some of the wells
14 were actually lower than they were in '92. So if you look
15 at the graphs, we're really not a whole lot different, point
16 from point, from 1982 to 2013 district-wide on the chart.

17 MR. STARR: A 30-year period.

18 MR. ONNEN: A 30-year period. So, you know, I
19 guess from a farmer's perspective, they'd say, "See, we
20 didn't really need those allocations." But I think the
21 political climate regarding water and the urgency of
22 maintaining -- because we have continued to add acres. The
23 efficiency has gotten better with the option of center
24 pivots and some of the newer techniques, but we have added
25 acres. And I think from the most recent statistics I put

1 together about a year ago, it looks like we have around
2 650,000 irrigated acres in the district. That's probably
3 not as accurate as it should be, but a lot of folks aren't
4 involved in the federal farm program and so they don't have
5 things registered with the FSA office and we don't have
6 certified acres in our district other than that area that's
7 certified in unit 8 near Fairbury.

8 MR. STARR: So what is -- you mentioned the
9 technology that has happened, center pivots being obviously
10 the big one, but there's all kinds of other technologies
11 that have allowed farmers to be more efficient by moisture
12 blocks, drop nozzles --

13 MR. ONNEN: ET gauges.

14 MR. STARR: Yeah, precision application.

15 MR. ONNEN: Right.

16 MR. STARR: Has that been a big factor? Do people
17 keep track and say, "Well, I only used 10 inches this year,"
18 or, "I used 15," or whatever? Is that -- and in particular,
19 have farmers become more technologically savvy, older folks
20 like me that retire, that don't adapt to technology quite as
21 well? Has that been a big change for you?

22 MR. ONNEN: Well, I think it has. Most of the
23 farmers now-a-days, at least the more progressive farmers,
24 they've got GPS on their tractors and their combines.
25 They've got everything that is -- a lot of fellows are

1 gritting their fields now for fertilizer applications, for
2 chemical and pesticide applications, and they do that for
3 even spot treatment of weeds and things. So I think there's
4 a lot of that out there, which is a little bit puzzling why
5 everything else that they use in the field they monitor to
6 the "T" but they don't want to put a flow meter on the well.
7 That's one of those things that always kind of puzzles me.

8 MR. STARR: Yeah.

9 MR. ONNEN: But I think they have adapted -- or
10 adopted a lot of those practices, a lot of center pivots
11 with drop nozzles. They've changed nozzles to be for low
12 pressure systems. We've had two or three quarter-sections
13 that have gone in the last year that are drip-taped and more
14 people talking about that, especially when you think about -
15 - I was just thinking this morning about Edgar. For
16 example, they had two storms this year, tornadoes and --
17 from two different directions, and hail that had gone
18 through, and a lot of center pivots were turned over. One
19 time I heard one of the dealers said he had 85 pivots on the
20 ground and then the next storm came through and there were
21 more that were on the ground. So the drip-tape does seem
22 like it would have a little protection and you wouldn't lose
23 that possibility of irrigating during the year if you needed
24 it.

25 MR. STARR: That's awful expensive.

1 MR. ONNEN: But it's more expensive.

2 MR. STARR: And it limits you somewhat, too, in
3 terms of how you operate and so forth.

4 MR. ONNEN: We've done a lot to promote the ET
5 gauges and the watermark sensors, and some people have used
6 them very religiously, some have been pretty skeptical the
7 first year or two. We've had a couple of cases where they
8 didn't quite work as well as they should have, either they
9 dried out or something and the guy was -- got false
10 information and put too much faith in them and his yield was
11 hurt. So those are all growing pains, I think, with
12 technology.

13 MR. STARR: Sure.

14 MR. ONNEN: I continue to think there's a lot of
15 these tools out there that look at the evapotranspiration of
16 a plant and also even the -- some of the gauges now that can
17 take chlorophyll samples to get you a sense for how the plant
18 is responding to drought conditions. So I think a lot of
19 that stuff is coming and, like I say, the more progressive
20 farmers, I think they're right in the thick of that
21 technology.

22 MR. STARR: What do you see as the biggest
23 challenge for this NRD going forward in the next few years?
24 What do you see as --

25 MR. ONNEN: Well, the groundwater issue will be

1 still a challenge, although I think there are more and more
2 people on board with those kind of management techniques.
3 It's getting more difficult to build structures and dams for
4 flood control. We've recognized that primarily from the
5 permitting standpoint, from the design standpoint, and for
6 the cost of land. We just proposed a structure here north
7 of Davenport last -- it was one in the Big Sandy master plan
8 that, because it is in an area that was located right over
9 one of the pockets of the deepest decline in our district,
10 we felt like maybe now was the time to pursue that and take
11 a look at it. Ran into a real buzzsaw with landowner
12 opposition, especially since land prices have kind of gone
13 through the roof and crop prices were high, people just were
14 not willing to part with that land. And we even saw it in
15 the Little Sandy project between the time we started and
16 there were some delays for permits, delays from the cultural
17 resources issue that came up. The cost rose significantly
18 there in land cost primarily -- and also construction costs,
19 but land prices especially because that's -- we were in that
20 time when things were jumping. So those are things the
21 board has to evaluate, I think, if we're going to move ahead
22 with flood control projects like that. We are doing -- just
23 kicked off a basin-wide -- and this will take in even that
24 portion of the Tri-basin NRD. It'll be a basin-wide water
25 quality and quality planning process.

1 MR. STARR: Groundwater quality?

2 MR. ONNEN: Yes, that we'll be looking at. The
3 plan we have in place now for trying to manage our nitrates
4 and our water quality issues and how that ties with our
5 groundwater quantity concerns because two years ago we did a
6 hydrogeologic investigation for the whole district. We
7 road-mapped everything based on the newer information that's
8 available, pulled all the data together and put together
9 this hydrogeologic study, which has some great, great tools,
10 and we're trying to get a handle now on how does that
11 surfacewater and nitrates and things like that play into
12 what we're trying to do, and then kind of create a road map
13 for the future. So some of the questions we've got right
14 now, we hope to answer through this management planning
15 we're doing. We've used the study that was completed to
16 start evaluating some of these new developments that are
17 taking place in marginal parts of our district. We've got
18 areas that there's not a problem poking a well down and
19 getting water anywhere, but we've got folks now that are
20 trying to tie multiple wells together just to farm some of
21 these marginal tracts coming out. So we've used that study
22 and some work done by the NRCS to develop a new irrigation
23 suitability score for those soils, and so any soil that
24 comes -- any application for a permit now that comes in, in
25 those areas, where either marginal water exists or highly

1 (indiscernible) lands exist, we run them through a ranking
2 and scoring process, and we've applied conditions to those
3 permits if we've granted the permits. We have not denied
4 any permits yet, but I think the board is getting to think
5 there's probably a score where, if it falls below that
6 score, we should be maybe thinking about denying those
7 permits either from a soil loss perspective or from a
8 groundwater management perspective. So those are issues
9 we're talking about right now.

10 MR. STARR: Do you have many nitrate problems in
11 your district?

12 MR. ONNEN: They're springing up all over.
13 We've -- matter of fact, this summer we collected close to
14 2500 samples between what the NRD collected and the samples
15 we asked the farmers to bring in for us from irrigation
16 wells. We've got, right now, about 270,000, 280,000 acres
17 of our district that we do have in special water quality
18 areas where we require the farmers to do some special
19 management activities, but our monitoring is showing us that
20 probably three-fourths of the district ought to be in some
21 of those areas because nitrates are rising. And the other
22 concern that we just started thinking about is, we don't
23 have that many really good water areas left in the district
24 and we've still got communities that are having nitrate
25 problems, saying, "Where can we go for water?" We're

1 beginning to think we probably ought to just throw the
2 entire district into a monitoring -- into a management
3 program, require operator training, some fertilizing
4 management on the entire district with the hope of
5 continuing to protect the areas that still have good quality
6 water for our future needs. The one thing that I think
7 reflects what's happening with the nitrates is if we look at
8 the municipal well samples that they've taken for years
9 because that's where we see the long-term trends. We were
10 just looking at Hasting's water supply. We've been working
11 extensively with wellhead protection in the city of Hastings
12 because they've got, you know, our largest population
13 center, but also one of our most critical areas of the
14 district for water. And their nitrates have gone
15 from -- when they first started monitoring around 1.1, 1.5,
16 somewhere in that category before a lot of fertilizer
17 applications. In the early '90s, they were averaging around
18 four, and today they're pushing about 8.5 and they've had
19 several wells go offline because of high nitrates. So
20 they're actually looking at a project now to pump and treat
21 some of the water and inject it upstream of Hastings in the
22 line of their wells so, as it moves towards the wells,
23 they're pulling some of the good water back out of the
24 aquifer. So they're using the aquifer as a storage vessel,
25 pumping some of the really high nitrates off from the top

1 layer of the aquifer to try to irrigate with it and use it
2 that way. So some innovative things that they're trying to
3 do and I think we've probably got six -- at least six cities
4 or villages in our district right now that are struggling
5 with nitrates at the maximum contaminate level.

6 MR. STARR: How about -- have you had any areas
7 where domestic wells, that were not drilled very deep at the
8 time they were put in, have gone dry or have reduced
9 capacity because of nearby irrigation wells -- or apparently
10 because of nearby wells? Has that been a problem for you?

11 MR. ONNEN: We've heard a few instances. I think
12 there are some out there that they probably don't report it,
13 they just get a well driller. We've had a couple well
14 drillers who have said, though, that they've replaced some
15 wells for people this summer in the Bladen and Blue Hill
16 area, another area that's kind of a problem spot we've been
17 watching. In 2012, we only had two farmers that reported
18 loss of water from a well, but we know that some of the
19 wells are, like you say, fairly shallow and so they kind of
20 expected that's probably just what they needed to do. And
21 now we require that any wells that are put in for domestic
22 purposes (indiscernible) just consider taking them deep.

23 MR. STARR: Going back to the nitrate issue, is
24 most or maybe all of it tied to fertilizer or do you have
25 any evidence otherwise?

1 MR. ONNEN: We've done some isotope analysis for
2 samples and most all are showing just agronomic fertilizer.
3 We still have people in the Bruning area that believe that
4 water -- and Bruning was one of the first sub areas we
5 created because of high nitrates and they actually put a
6 municipal well down near Belvidere in a good part of the
7 aquifer because they were right at 10 parts per million, so
8 they've been in one of the first management areas. But
9 they've also said there was an awful lot of livestock that
10 was produced in that area and so we're trying to get a
11 little bit better sampling there and doing some of this
12 isotope sampling to see --

13 MR. STARR: One big feedlot east of town.

14 MR. ONNEN: Yeah. Even Hastings, there was that
15 concern because they've got the Juniata feed yards out in
16 their wellhead protection area right smack in the center of
17 that, but most all of the isotope sampling (indiscernible)
18 has indicated it's agronomic, not livestock (indiscernible).

19 MR. STARR: Well, Mike, I've come to about the end
20 of my questions. Is there anything else that you think of
21 that I -- that we haven't thought of, that we ought to make
22 a record of?

23 MR. ONNEN: Well, you know, when we're talking
24 about staff changes in the office, one of the things we did
25 in the late '80s was hire somebody for information

1 education. And I look back and I think, you know, those
2 were -- we still do quite a bit of that type of work,
3 working with farmers and things, maybe more one-on-one, but
4 there's a component of the education in the NRD world for
5 these kids to understand conservation and natural resources
6 and the environment, and we've really got a good program set
7 up for a lot of training for our youngsters to understand
8 those things, I think. We just conducted our water jamboree
9 here two weeks ago, or last week I guess it was, and had
10 close to 600, 700 kid that came out to Liberty Cove to
11 experience different stations of water environments, soils,
12 tree planting, and things like that. I think that's all
13 really important.

14 MR. STARR: When you -- back in 1985 when you took
15 over the job as the manager 28 years ago, I guess, did you
16 envision that the NRD would be where it is today, or
17 that -- a lot of surprises or just a natural evolution?

18 MR. ONNEN: It's kind of a natural evolution. I
19 guess I'm not surprised with where we are today, probably
20 the thing that frightens me more than anything is this
21 nitrogen -- nitrate problem and the other issue that
22 Hastings is facing is uranium. We just talked to some folks
23 from the University two weeks ago that believe there is some
24 connection between nitrate pollution and uranium release in
25 the sediments in this area. And if that's true, then we

1 could be facing another significant issue in the near future
2 because the nitrate -- between the nitrate and pulling water
3 out of the aquifer and oxygenate it before it -- percolates
4 back, those two components, it seems like we're changing the
5 soil chemistry. And one of the professors at the University
6 believes that change in soil chemistry is releasing some of
7 those otherwise bound-up uranium components in the soil.

8 MR. STARR: That's a new one on me. I didn't even
9 know there was uranium.

10 MR. ONNEN: Yeah, they've got some really hot
11 issues right north of Hastings that they're going to have to
12 be dealing with real soon.

13 MR. STARR: Out of that lake?

14 MR. ONNEN: It's just north of Lake Hastings,
15 yeah.

16 MR. STARR: That's interesting.

17 MR. ONNEN: But I think it is an evolution.
18 Things continue to change. I guess I'm one of those people
19 who loves to build projects. When I do things like the
20 Little Sandy project, I love to see those projects come
21 together. It's neat to be able to envision them and see
22 what they might be for the area. But I guess my long-term
23 projection is, it's going to be more difficult to get
24 structures primarily because of land values and the politics
25 in getting those built. We're going to have to focus more

1 on things like the no-till and conservation on the land,
2 getting the water to fall -- to stay where it falls. And I
3 think the NRCS (indiscernible) -- they've just recently come
4 out with their emphasis on soil health. I've preached soil
5 health for 30 years. I've often thought that if we did a
6 better job of managing the residue, building organic matter,
7 using cover crops, rotation of crops, we'd have better soil
8 health and we'd be infiltrating a lot of this rain that we
9 have yet to build both our soil and our aquifers. And I
10 think that's kind of where the future needs to be, where we
11 need to be moving toward.

12 MR. STARR: Well, I thank you very much, Mike. I
13 appreciate you taking the time and I appreciate the
14 information you've provided. Thank you very much.

15 MR. ONNEN: It's been enjoyable. Thank you,
16 Gayle.

17 - - -
18
19
20
21
22
23
24
25